

CERTIFIED COPY

STATE OF CONNECTICUT
DEPARTMENT OF ENERGY AND
ENVIRONMENTAL PROTECTION
PUBLIC UTILITIES REGULATORY AUTHORITY

STATE WATER PLANNING COUNCIL

Regular Meeting held Via Teleconference on
April 2, 2024, beginning at 1:33 p.m.

H e l d B e f o r e :

JOHN W. BETKOSKI, III, WPC CHAIRMAN,
and PURA VICE-CHAIRMAN

1 **A p p e a r a n c e s :**

2 **WATER PLANNING COUNCILMEMBERS PRESENT:**

3 **JOHN W. BETKOSKI, III, CHAIRMAN (PURA)**

4 **ERIC McPHEE (DPH)**

5 **MARTIN HEFT (OPM)**

6
7 **ALSO PRESENT (on record):**

8 **VIRGINIA de LIMA**

9 **ALICEA CHARAMUT**

10 **KIM CZAPLA**

11 **CAROL HASKINS**

12 **RICH HANRATTY**

13 **DAN LAWRENCE**

14 **ALI HIBBARD**

15 **DON MORRISSEY**

16
17 **Staff:**

18 **LAURA LUPOLI**

1 (Begin: 1:36 p.m.)

2
3 THE CHAIRMAN: Good afternoon, everyone. Welcome to
4 the Water Planning Council meeting for April 2nd,
5 2024.

6 Before we begin the meeting, I would like to
7 introduce our new designee from the Department of
8 Public Health, Eric McPhee. Welcome, Eric.

9 Would you like to introduce yourself, sir?

10 ERIC MCPHEE: Sure, I can do that. Eric McPhee,
11 Supervising Environmental Analyst with the
12 Department of Public Health Drinking Water
13 Section. I'm excited to be here and look forward
14 to working with all of you.

15 My primary role currently with the agency is
16 water supply planning. So I should be able to hit
17 the ground running in this work. We work
18 individually with the planning of public water
19 systems and also regional planning. A lot of my
20 work deals with protection of drinking water
21 sources. We do a lot of permitting and outreach,
22 believe it or not, over 25 years at this point,
23 originally as an engineer, and now I do more
24 analysis and planning.

25 My degree is civil and environmental

1 engineering from the University of Connecticut. I
2 live in Portland my wife and two children.

3 Nice to meet everyone.

4 **THE CHAIRMAN:** Welcome. Happy to have you here.

5 And Graham cannot be with us today because
6 he's got a meeting at the State Capitol.

7 But with that, before we begin, I'm going to
8 turn it over to Martin Heft.

9 **MARTIN HEFT:** So thank you, Chair. Good afternoon,
10 everybody. I'd like to make a motion that we add
11 one item to our agenda under action items. That
12 would be action item 4B -- would be the
13 appointment of co-chairs to the advisory group.

14 **ERIC MCPHEE:** We have limited number of seconds today.

15 I will second.

16 **THE CHAIRMAN:** Okay. Motion made a second that we add
17 the selection of the co-chairs of the WPCA to the
18 agenda. Any questions on the motion?

19
20 (No response.)

21
22 **THE CHAIRMAN:** If not, all in favor signify by saying
23 aye.

24 **THE COUNCIL:** Aye.

25 **THE CHAIRMAN:** Opposed?

1 (No response.)

2
3 THE CHAIRMAN: Motion carried. Thank you very much.

4 The first order of business was the second
5 order of business, the approval of the meeting
6 transcripts. The first is the February 23rd,
7 2024, special meeting transcript.

8 Do I hear a motion?

9 MARTIN HEFT: Jack, I will make a motion, because I
10 know Eric won't be able to. I will make a motion
11 that we approve both transcripts, the February
12 23rd and March 5th.

13 THE CHAIRMAN: And I will second those.

14 All those in favor?

15 THE COUNCIL: Aye.

16 THE CHAIRMAN: Opposed?

17
18 (No response.)

19
20 THE CHAIRMAN: Motion carried. Public comment on any
21 agenda items today? Public comment? Public
22 comment on any agenda items?

23
24 (No response.)

1 THE CHAIRMAN: Okay. We'll move on to number four,
2 action items. We'll have the WPCA nominee for it,
3 Carol Haskins, who's been very, very busy putting
4 this together, and I thank you for that.

5 Carol?

6 CAROL HASKINS: Thank you. Okay. I'm here. I'm just
7 trying to find my unmute button and make sure I've
8 got the right files open here -- or screen share.

9 At the Water Planning Council advisory group
10 on March 19th the committee presented what we had
11 for candidates for -- (inaudible.)

12 THE REPORTER: I just lost Carol.

13 THE CHAIRMAN: Yeah. Carol, could you repeat? You
14 froze for a second there?

15 CAROL HASKINS: Okay. Yeah. I've got a little
16 unstable Internet connection here, apparently.

17 Can you hear me now?

18 THE REPORTER: Yes.

19 CAROL HASKINS: So I was saying the Water Planning
20 Council advisory group met March 19th. We
21 reviewed the candidates that submitted their
22 interest in serving on the advisory group and
23 tried to align them with which category of
24 representation we felt best for them.

25 There were candidates that we had to follow

1 up with as they were new interested folks in
2 joining, and following up with some candidates
3 that hadn't yet responded.

4 So I think that's a really good point. I
5 just wanted to say that -- which was submitted to
6 you guys. And that's what we have here before
7 you.

8 And I probably need to make it a little bit
9 bigger in terms of a zoom -- but following the new
10 procedural rules, we have three-year terms, and we
11 looked at staggering those terms for an April
12 expiration. So starting one year out, starting a
13 two-year out, and starting three-year out. So
14 we've assigned those groups A, B, and C to
15 alleviate any confusion between our old groups of
16 one, two, and three.

17 And then each group is balanced between
18 having three consumptive, three non-consumptive,
19 and one impartial in groups A and B. And then
20 group C has two consumptive representatives, two
21 non-consumptive, and two impartial.

22 So down below is the category of
23 representation, an indication of their perspective
24 that they're representing, the proposed
25 representative, proposed alternate, and their

1 proposed group assignment.

2 **THE CHAIRMAN:** Excellent. Any questions for Carol?

3 **MARTIN HEFT:** Thanks, Jack. If she wants to stop
4 screen sharing, then we can -- no. Thanks.

5 Thank you.

6 And if I may? Carol, thank you very much and
7 to, you know, everyone on your committee. You've
8 been doing a great job reviewing everything and
9 providing us with a spreadsheet with the comments
10 and everything on that. Greatly appreciate it.

11 And I know a lot of hard work went into that,
12 having conversations with you earlier, everything
13 else, you know, for that. So I'm very, you know,
14 pleased with what's been done on this.

15 Two things; one, just -- I meant they're just
16 more clerical, is for spelling under recreation.
17 Recreation is spelled wrong on the sheet. So if
18 we're going to -- under representative for Jeff
19 Shaw on that.

20 **CAROL HASKINS:** Yeah.

21 **MARTIN HEFT:** And then I would just also just remove
22 the co-chair titles under the representatives, you
23 know, off the official list if we're going, you
24 know, for approval on that.

25 **CAROL HASKINS:** Were they still on?

1 MARTIN HEFT: And then the only other question I had
2 was just -- and I believe she's already serving,
3 but I didn't see her on the applicant list, was
4 under the water resource protections, Amy Petrus.
5 Is she currently serving, and she just did not
6 reapply, per se?

7 But I want to make sure we had conversations
8 with her for filling, you know, for the alternate
9 spot, because I didn't see her on the other
10 listing. I believe she's been at meetings and has
11 filled in for you in the past. So I'm just
12 verifying that.

13 CAROL HASKINS: Yeah, she and I exchanged some e-mails
14 with a, happy to continue serving if need be, but
15 also willing to step aside if there's somebody
16 else really willing and would be able to step up.

17 MARTIN HEFT: Okay. Great. Thank you very much. I
18 just wanted to confirm, because that was the only
19 name that I didn't see on any of the lists. So I
20 wanted to just confirm that.

21 But again, thanks for, you know, a great job
22 on all of this. And you know, a thank you to
23 everyone that has, you know, served previously on
24 both this and the implementation workgroup and
25 everything for that, you know, as we've stated in

1 the past for that.

2 But I don't have any other questions. I know
3 we have one vacancy for, you know, electric power
4 that we'll still have to seek, and then, you know,
5 potential alternates.

6 THE CHAIRMAN: Very good. Eric, any comments?

7 ERIC MCPHEE: No.

8 THE CHAIRMAN: Thank you. So I will entertain a motion
9 to accept the slate of recommendations from the
10 WPCAG nominating group as presented.

11 MARTIN HEFT: (Inaudible.)

12 ERIC MCPHEE: I will second.

13 THE CHAIRMAN: Any questions on the motion?

14
15 (No response.)
16

17 THE CHAIRMAN: If not, all those in favor signify by
18 saying aye.

19 THE COUNCIL: Aye.

20 THE CHAIRMAN: The motion is carried. Martin?

21 Where did Martin go, here?

22 ALICEA CHARAMUT: Martin disappeared.

23 CAROL HASKINS: He did.

24 THE CHAIRMAN: Did we lost Martin?

25 CAROL HASKINS: Looks like.

1 Jack, for the purposes of the minutes, I will
2 send you the updated roster based on Martin's
3 suggested edits for correcting the spelling of
4 recreation and removing the co-chairs. And you
5 can send them along to whoever is doing the
6 minutes here for you.

7 **THE CHAIRMAN:** Very good. Good. Thank you.

8 Oh, I just got a text from -- Martin got
9 kicked off Zoom. He's trying to reconnect. So
10 let's just go off the record for a second here.

11 **THE REPORTER:** Pausing the record.

12
13 (Pause: 1:44 p.m. to 1:45 p.m.)

14
15 **THE CHAIRMAN:** Okay. Now we are back on record.

16 Martin, is it something we said? Or --

17
18 (No response.)

19
20 **THE CHAIRMAN:** Uh-oh. Can everybody hear me?

21 **ALICEA CHARAMUT:** Yes, we can hear you.

22 Martin appears to be frozen.

23 **DAN LAWRENCE:** He's pondering that --

24 **MS. LUPOLI:** I'm readmitting him now.

25 **DAN LAWRENCE:** -- it's on the other face. It's always

1 terrifying to have your face frozen.

2 **THE CHAIRMAN:** Oh, my goodness.

3 Martin?

4 **MARTIN HEFT:** Yeah, Jack.

5 **THE CHAIRMAN:** Are you Okay now?

6 **MARTIN HEFT:** No, my Zoom keeps freezing up. I just
7 put it on my phone.

8 **THE CHAIRMAN:** Oh, okay. Good. Okay, fine. We can
9 hear you and see you, and all that good stuff. So
10 sorry about that.

11 **MARTIN HEFT:** My system keeps freezing up here at the
12 office. So I'm not sure, so.

13 **THE CHAIRMAN:** So Martin, would you like to make a
14 nomination for the co-chairs?

15 **MARTIN HEFT:** Did we -- well, we have to vote on the
16 advisory group. Don't we?

17 **THE CHAIRMAN:** Well, we kind of did when you -- Rob?

18 **THE REPORTER:** Yes?

19 **THE CHAIRMAN:** Did we get a vote on the advisory group?

20 **THE REPORTER:** I'm checking my notes.

21 **MARTIN HEFT:** Because I don't think we had a motion
22 before I cut off.

23 **THE REPORTER:** I don't think so.

24 **THE CHAIRMAN:** Okay. So make a motion. You're going
25 to make a motion to accept the recommendation of

1 the nominating committee?

2 **MARTIN HEFT:** Sure, yes. I will make a motion that we
3 accept the nomination slate as presented by the
4 nominating committee.

5 **THE CHAIRMAN:** A second, Eric?

6 **ERIC McPHEE:** I will second.

7 **THE CHAIRMAN:** Thank you. Any questions?

8
9 (No response.)

10
11 **THE CHAIRMAN:** If not, all those in favor signify by
12 saying aye.

13 **THE COUNCIL:** Aye.

14 **THE CHAIRMAN:** The motion is carried.

15 Now, would you like to make the nomination?

16 **MARTIN HEFT:** Thank you, Mr. Chair.

17 I would like to make the motion that we
18 appoint as co-chairs for a one-year term, Alicea,
19 you know, keeping the current chairs, Alicea
20 Charamut and Dan Lawrence for a one-year term as
21 co-chairs.

22 **THE CHAIRMAN:** And I will second it.

23 Any questions on the motion?

24
25 (No response.)

1 THE CHAIRMAN: If not, all those in favor signify by
2 saying aye.

3 THE COUNCIL: Aye.

4 THE CHAIRMAN: Congratulations, Alicea and Dan.

5 Motion is carried.

6 DAN LAWRENCE: Thank you.

7 THE CHAIRMAN: All right. We're going to go right into
8 the advisory workgroup, Alicea and Dan.

9 ALICEA CHARAMUT: Go ahead, Dan. I'll let you take
10 this --

11 THE CHAIRMAN: I'm sorry. I'm sorry. Virginia had her
12 hand up. I just saw her hand.

13 VIRGINIA de LIMA: Yes. Thank you, Jack. I wanted to
14 just comment for your consideration that, I
15 believe it was Martin's request, this slate was
16 proposed with an April to March term.

17 As you all know, this is a particularly busy
18 time of year with the legislative session and
19 coming up to the end of the fiscal year, and those
20 kinds of things. And the people on the nominating
21 committee, especially Carol, are fairly
22 overwhelmed at this time of year, and it is just
23 that much of an additional burden for them to be
24 going through and coming up with the slate.

25 And I just wanted to mention that you might

1 want to consider returning it to the calendar year
2 with this first term being very short, obviously,
3 just in respect of their time.

4 **THE CHAIRMAN:** Okay. We can discuss -- I'd like to do
5 that when we have Graham here as well. So we can
6 discuss that in the future.

7 Now we will move to Alicea and Dan.

8 **DAN LAWRENCE:** Thank you. So Alicea and I spoke. As
9 you can imagine, our last Water Planning Council
10 advisory group meeting was focused on nominations
11 and working with Carol and the nominating
12 committee to identify people, make sure that we
13 had all the resumes and reviewed everything.

14 I did actually attend most of the nominating
15 committee just to kind of go through all those as
16 well. So that was the -- everything minus a few
17 updates from our last meeting.

18 **THE CHAIRMAN:** Thank you.

19 Alicea, anything to add to that?

20 **ALICEA CHARAMUT:** No.

21 **THE CHAIRMAN:** No? Okay. Denise also has a meeting
22 today. So for outreach and education, we're going
23 to have -- Ali is going to cover. Please, Ali?

24 **ALI HIBBARD:** Good afternoon. The outreach and
25 education workgroup met this morning. We are

1 discussing --

2 **THE CHAIRMAN:** And by the way, I'm very impressed, Ali,
3 that you met this morning and you have minutes to
4 us this afternoon. Thank you.

5 **ALI HIBBARD:** Yes, we do. Denise is very efficient.

6 **THE CHAIRMAN:** I'm very impressed.

7 **ALI HIBBARD:** We are discussing ways to celebrate both
8 the 50th anniversary of the Safe Drinking Water
9 Act and Safe Drinking Water Week, which is May 5th
10 through 11th.

11 We're proposing to draft a press release or
12 some type of announcement recognizing Safe
13 Drinking Water Week. We're going to have an
14 update on that over this month as we work out a
15 draft, but if any group is doing something for
16 Safe Drinking Water Week, please reach out to
17 myself or Denise to see if our workgroup can
18 provide support.

19 That's the update I have.

20 **THE CHAIRMAN:** Thanks, Ali. Any questions for Ali?

21
22 (No response.)

23
24 **THE CHAIRMAN:** Next is the conservation pricing rate
25 recovery analysis work Group.

1 ALICEA CHARAMUT: I'm still working on an alternate
2 date for that. The dates we have been meeting
3 have not been working for me as well as several
4 other people. So we should have another date
5 within the next week that we'll be meeting
6 regularly.

7 THE CHAIRMAN: It's a busy time for everyone. That's
8 fine.

9 Margaret, the watershed lands workgroup.

10 ALICEA CHARAMUT: That would be Rich.

11 RICH HANRATTY: Mr. Chairman, if you don't mind?

12 Margaret asked me to do this. Rich Hanratty.

13 So we had our last meeting March 8th, and we
14 had an excellent presentation by Charles Vidich
15 and Nick Trabka from WestCOG. And I think that
16 this will be very useful to the Water Planning
17 Council and the working group going forward.

18 The presentation was on land use controls to
19 protect public water supply watersheds. And
20 although it was only preliminary -- extremely
21 detailed; they took a look at all the
22 municipalities, a huge amount of work, all the
23 regulations that were in place. And they
24 identified existing zoning techniques, gaps in
25 protection, best zoning practices, and will be

1 recommending relevant training.

2 Just a couple of points that jumped out, to
3 me at least. Only 69 -- 63, rather, of the 129
4 municipalities with public water supply watershed
5 lands even have explicit zoning protections. So
6 there's a definite need for other municipalities
7 to step up, and I think this study is helpful.

8 Only 24 municipalities have 4 or more
9 criteria for public water supply watershed
10 protections. And there was a very good discussion
11 of best practices in the use of overlay zoning
12 regulations for protection, and they have a few
13 benefits; simplified land use reviews, and it's
14 really one-stop shopping. So all requirements
15 would be in one place. So if we could move
16 towards that across the state, it would benefit
17 everybody.

18 There were 63 municipalities that identified
19 with explicit watershed protection. So that means
20 there's a number of municipalities that don't have
21 explicit watershed protection. And then they were
22 pointed out that Connecticut General Statute 8-3i
23 requires planning and zoning commissions to notify
24 water utilities of proposed development in
25 watershed areas, and only a handful of

1 municipalities reference that, even though it's a
2 general statute which does apply to more
3 municipalities. We've become aware of that.

4 So just an excellent study. It will be sent
5 around. I think it has been already finalized.
6 I'm sure we'll get another look at it. The next
7 land group meeting is June 14 at 9 a.m.

8 That's my report.

9 THE CHAIRMAN: Thank you, Rich.

10 Any questions for Rich?

11
12 (No response.)

13
14 THE CHAIRMAN: Interagency drought workgroup. Martin,
15 I know we've got a meeting coming up.

16 MARTIN HEFT: Sure, yes. And I'm actually in the
17 waiting room trying to get back in on my other
18 site if -- whoever has access to that maybe.

19 Thanks. Hold on. Just --

20 THE CHAIRMAN: Yeah. Laura has access.

21 MS. LUPOLI: I let him in.

22 MARTIN HEFT: Thank you.

23 THE CHAIRMAN: There he is. Okay.

24 MARTIN HEFT: Thank you. Apologies. I don't know. I
25 had to reboot everything. Apologies.

1 DAN LAWRENCE: Can I share my screen?

2 THE CHAIRMAN: Absolutely.

3 DAN LAWRENCE: All right. Let's see if we get this
4 correct without messing it up. Can you guys see
5 that okay?

6 THE CHAIRMAN: Great.

7 DAN LAWRENCE: All right. Well, thank you very much.
8 It's a topic that I think many of us spend hours
9 and hours on in the water utility side, and today
10 hopefully we'll have an opportunity to get through
11 this presentation.

12 And I'm sure we'll have many more discussions
13 and many potential more presentations around
14 certain topics around PFAS itself. It is a
15 challenging topic overall, but I do think we'll be
16 able to get through some things today.

17 So from an agenda standpoint I just wanted to
18 cover a couple of things. I never assume everyone
19 understands everything about PFAS. No one has
20 done, you know, as much digging as maybe I have or
21 others -- and may know more than me for sure, but
22 I want to make sure we set that stage correctly,
23 at least in concept.

24 I'll talk a little bit about the regulatory
25 timelines, a little bit about community water

1 systems in Connecticut, and then talk a little bit
2 more about Aquarion's -- our experience right now,
3 potential costs, point of entry, point of view,
4 the system side, funding opportunities, a little
5 bit about the settlements, and then just an FYI on
6 the liability exemptions for PFAS that are going
7 on with it.

8 So if you have questions, ask as we go or you
9 can wait to the end. That's really up to you. So
10 thank you.

11 So when you think about PFAS -- and a piece
12 that I really wanted to make sure everyone
13 understands, it's a group of manufactured
14 chemicals. You know they're not -- somebody came
15 up with them. And I have a friend who's a
16 toxicologist that said, every time mankind comes
17 up with something it's not good -- and don't put
18 it in the environment.

19 So PFAS has been around since the -- really,
20 it was developed in the 1930s, but really put into
21 use in manufacturing in the 1940s; used in the
22 Manhattan Project and many other things in the
23 war.

24 You know there are thousands of PFAS
25 compounds. And as we think about that, you can

1 look at it in the 1950s; we have Teflon and
2 Scotchgard, two of probably the biggest things
3 that occurred. And they're still in use today in
4 terms of if it's water repellent, stain repellent,
5 or it defers dirt, it probably has PFAS in it,
6 whether it's a dish, your laundry soap, your
7 shampoo.

8 It's an amazing amount of things that have
9 been impacted -- or with people contributing PFAS
10 to our environment in that product. So it's
11 fascinating.

12 Then in the sixties and seventies, you get
13 the AFFF firefighting foam containing PFAS and
14 PFOA, which was widely used, and starting in the
15 1970s. And I think it's good to put this in the
16 context as you think about, you know, I was born
17 in 1970. I know some people are older and younger
18 than me, but you know how long this has been in
19 our environment and it doesn't break down easily.

20 The most prevalent ones, again, PFOA -- and
21 I'm not going to try to pronounce the long terms.
22 If someone wants to try that for me, they can.
23 And PFAS, for example, is the most commonly used.
24 And those have been phased out for the most part,
25 but they've been replaced in the United States

1 with other PFAS in recent years -- and GenX, as
2 you may not be familiar with, which is another
3 thing, which in the environment breaks down to
4 PFAS. So, you know, your Gore-Tex jackets and all
5 those fun things.

6 And again, it just doesn't break down easily.
7 It bioaccumulates in your organs based on
8 toxicology studies. And so it impacts the
9 environment, people, animals, and really
10 everything right now, whether you have a private
11 well or a public water system.

12 And it actually impacts, again, when you
13 think about -- well, we'll talk about this a
14 little bit later. When you think about who's
15 contributing to the problem and who's just
16 receiving that problem -- right? In like -- and
17 in terms of a product point of view.

18 So just a little bit on the regulatory
19 timeline. And I'm not going to do a big dive, but
20 just to give you some really high-level points.
21 So in 2009, the EPA issued a lifetime drinking
22 water health advisory of 200 parts per trillion
23 for PFAS and 400 parts per trillion for PFOA, and
24 people often wonder why.

25 Well, keep in mind the laboratory detection

1 limit was not what it is today. They couldn't
2 have detected 4 parts per trillion back in 2009.
3 2016 comes up, and PFOA, PFAS, and drinking
4 water's updated health advisory level of 70 parts
5 per trillion. And then from that point on,
6 there's a little bit of -- if you can keep track
7 of it -- we work in multiple states, and many
8 states ended up issuing between that period of
9 time and today maximum contaminant levels by state
10 level.

11 New Hampshire did that, Massachusetts, New
12 Jersey, New York, and a number of others issued
13 the maximum contaminant levels. The Connecticut
14 Department of Public Health issued -- for
15 Connecticut issued drinking water action levels.

16 And right now, EPA is proposing regulation of
17 6 PFAS, which at this point, what we understand,
18 we issued a decision in April of 2024. So that's
19 right around the corner. We'll see if that really
20 happens, but that's what they're saying.

21 And if you go to the regulatory limit table
22 on the bottom, it gives you a view -- and there's
23 a lot of compounds here. But just wanted to run
24 you through that quickly. Again, all in parts per
25 trillion in PPT.

1 So EPA has PFOA and PFAS in the first two at
2 four. And then the next one is GenX, PFBS, PFBNA,
3 PFHxS, PFHpA, and PFBDA are all part of a hazard
4 index. I'm not going to go through that
5 calculation because I'm not sure I could do it
6 right now, but it's a hazard index combining other
7 PFAS compounds.

8 Massachusetts is still sitting around 6, 6
9 PFAS compounds, with a total of 20. New Hampshire
10 has isolated maximum contaminant levels for PFOA,
11 PFAS, PFNA, and PFHxS. So we've been dealing with
12 that, and we'll talk a little bit about that in a
13 little bit.

14 And then Connecticut, and you can see that
15 covers a very wide range of drinking water health
16 action levels in terms of where they are. So you
17 get that really big -- and this has been part of
18 the conversation around PFAS -- is, what's the
19 right number. Right? And I think that's an
20 interesting one when you think -- basically say
21 that Massachusetts, New Hampshire, Connecticut,
22 EPA, New York, New Jersey, all use toxicology, yet
23 all come up with very different numbers. That
24 always fascinates me, but I don't know what the
25 right number is.

1 Obviously, it's important to protect health.

2 So anyone have any -- I'm going to stop just
3 for a second because I've been talking for a bit.
4 Does anybody have any questions around what's in
5 front of us and where EPA is going, or where
6 Connecticut, or Massachusetts, or New Hampshire
7 may go?

8
9 (No response.)

10
11 DAN LAWRENCE: Yeah. A lot of numbers, a lot of things
12 to keep track up. So when you think about
13 community water systems in Connecticut -- and I
14 did receive this information from the Department
15 of Health, so it is at least reasonably accurate
16 today if things haven't changed.

17 So we have 489 community water systems with
18 an estimated population of roughly 2.8 million
19 people in Connecticut. And then you have
20 transient non-community water systems, about 480
21 of those with an estimated population of about
22 98,000. And then non-transient, non-community,
23 1395 systems with an estimated population of about
24 60,000. And you say, okay. What does that mean?

25 There's been many, many studies that have

1 been done that talk about the statistics around
2 the number of water systems that have PFAS in
3 them. And one of the numbers that's floated --
4 and I think it's -- I have to dig out the study, a
5 couple of ones I was reading -- that some were in
6 the -- that 60 to 70 percent of water systems will
7 have detectable PFAS, not necessarily exceeding a
8 standard, but detectable PFAS. And that somewhere
9 in that, 25 to 45 percent of those systems would
10 require treatment above the four parts per
11 trillion.

12 I would say being in New England, it is more
13 densely populated. And you look at where PFAS was
14 and still is, the suggestion is that New England
15 will have a higher percentage, potentially. So I
16 just wanted to share.

17 And if you don't know what a community,
18 non-community, or non-transient non-community is,
19 I put the definitions up. I always find that
20 helpful for myself. Obviously, transient
21 non-community is like schools, office buildings,
22 hospitals, things like that. So not the same
23 people.

24 Transient non-community is gas stations,
25 campgrounds. Again, where people are there, but

1 not for more than 60 days a year. And a community
2 water system is what we talk about more regularly,
3 but again I thought it would be worthwhile taking
4 a look at those in terms of how it may be
5 impactful.

6 So just chatting about Aquarion's experience.
7 So we have, in Connecticut, 69 community water
8 systems and 4 non-transient non-community water
9 systems. Most of those are like the Berkshire and
10 Corporate Park in Brookfield -- in Danbury, excuse
11 me. And then moving up in Oxford they're more
12 commercial parks than anything else.

13 And so when you look at it, we have 73
14 systems. We have 47 of our community water
15 systems that had detectable levels of PFAS. So
16 you look at those percentages, that we talked
17 about them before. That kind of makes a little
18 bit of sense.

19 And then 31 of those systems -- and that's
20 all our community water systems. So that's,
21 whether that's bedrock groundwater, groundwater
22 from a bedrock well or an overburden well, or a
23 surface water treatment plant, you know those are
24 the systems.

25 So we had 31 of our systems that if the

1 standard comes in at four parts per trillion for
2 PFOA -- PFAS and PFOA, it would need treatment.
3 It depends on how the rule is written. But then
4 in that we would have -- we had three
5 non-transient non-community systems have
6 detectable levels. And one of those systems needs
7 treatment if the standard stays, stays there.

8 And so what we did -- and we've been working
9 on this for a while, testing as many know. And so
10 we've come up with a general estimate that will
11 cost us approximately \$260 to \$280 million. And I
12 can tell you that's a big number for anyone, but
13 one of the things that I think we want to look at
14 is really, where does that number lie?

15 And so as part of trying to figure out, one,
16 have a good strategy around when we're going to
17 treat, how we're going to treat, but also, you
18 know, how we go about this, and where do -- those
19 numbers of facilities with points of entry.

20 So what you're looking at right now is not
21 systems, but rather points of entry. So that's,
22 you know, either a surface water treatment plant,
23 that's water coming from a reservoir into the
24 surface water treatment plant into the
25 distribution system, a bedrock well. And we get

1 the opposite extreme of somewhere, you know, up in
2 20, 30 gallons a minute or less. And we have just
3 a couple of wells that are bigger than that, or to
4 an overburden or a gravel packed well.

5 So when you look at this -- and by the way,
6 the picture is our PFAS facility in Hampton, New
7 Hampshire. Those are eight-foot vessels, and that
8 was a garage we were able to repurpose so we
9 didn't have to build a new building, which was
10 nice. But that was put in a few years ago, and
11 it's been active. So we've had some good
12 experience with that.

13 But if you look at our tiers, we had eight
14 points of entry, or eight treatment points that
15 are greater than eight parts per trillion.
16 Eight -- between six and eight parts per trillion.
17 And then our tier 3 is between 4 and 6 parts per
18 trillion, so you get to 20.

19 And then when you get to tier four, you start
20 to get into -- between tier three and tier four,
21 we start to see some impact to a couple of our
22 surface water treatment facilities, and that's
23 where the numbers really get large.

24 But you can see really how tight the numbers
25 are on the parts per trillion side, and how

1 impactful the regulation will be for the number of
2 points of entry we have to treat.

3 So you can see that if that standard was
4 raised from 4 parts per trillion -- which I have
5 no idea if this will happen -- but to 5 parts per
6 trillion, there's 15 points of entry that would
7 not require treatment. And you know, those, one
8 of those is a large facility that costs about \$50
9 million to treat because it's a large water
10 treatment plant.

11 So this is how we've been breaking it down,
12 and this is how we've been going through and
13 trying to make sure, as we started through this
14 process, that we are going after the highest
15 concentrations of PFAS out there in our systems
16 first, and making sure those are addressed more
17 readily.

18 So any questions on that?

19 RICH HANRATTY: Yeah. Hey, Dan. Rich. Did you touch
20 on the compliance timeline for, you know, when EPA
21 does set a maximum contaminant level? How long
22 are we all going to have to --

23 DAN LAWRENCE: So, yeah. I was going to get into that
24 in a second, Rich -- but I can do that now. I
25 don't have a slide on that, but so originally,

1 when EPA proposed the rule -- and no one knows how
2 it's going to actually end up -- it was going to
3 be a three-year implementation period with the
4 maximum concentration of PFOA and PFAS at four
5 parts per trillion each, plus that hazard index.

6 So a three-year implementation period, if
7 they do that -- and that's how they implement it,
8 so -- and it comes out in April -- have three
9 years for Aquarion to implement \$260 million worth
10 of work, which is obviously not practical.

11 The lead time on equipment right now -- and
12 this is what comments we made into EPA just to get
13 these vessels that you're looking at -- and those
14 are small vessels. Those are only eight-footers,
15 and they have skids -- is somewhere in the four to
16 eight months right now, if you hit the market
17 correctly.

18 And then these are carbon-activated filters.
19 So the availability of carbon from a vendor such
20 as Calgon, that is only going to get worse in
21 terms of supply chain. So there's a number of
22 issues. It's something that we've brought up in
23 our comments to EPA. I'm sure others did as
24 well -- that we want to make sure, as a society,
25 I'll say, that the highest concentrations of PFAS

1 are addressed first. Right?

2 There's four parts per trillion; Aquarion,
3 Connecticut Water, and everyone is going to work
4 very hard to meet that standard, but I don't think
5 it's going to be feasible just because of supply
6 chain issues and literally lead times on
7 equipment, literally getting all the approvals we
8 need, not just from the Department of Health --
9 and also getting through funding, which we'll go
10 through as well.

11 So there's some challenging points there.
12 Again, this slide really says a lot. I mean, if
13 you went to six parts per trillion, which I don't
14 think they will -- they did evaluate five parts
15 per trillion. I think one of the choices the EPA
16 could consider would be to extend the time.

17 In the past, they've done progressive rules
18 where, you know, for an example, in disinfection
19 byproducts there was a two-stage rule. It's phase
20 one -- and stage one and stage two; you had to do
21 certain amounts in stage one, and then it went
22 down in stage two.

23 They could do the same thing where if you had
24 above a certain concentration you needed to treat
25 it in the first three years. And then if you're

1 in a lower concentration, you would treat that in
2 the next few years, and so on. And I think that
3 makes the most sense, because that allows the
4 highest concentrations to be removed, which are
5 the most impactful to people that consume water.

6 And again, I think the piece to consider is
7 that, not only is it in your drinking water as --
8 and it's in your drinking water because their
9 septic systems are within the general vicinity.
10 It's coming from the environment, and it's coming
11 from consuming products.

12 The water systems are what they call a
13 receiving party, which means they have no -- we
14 don't put that in water. That just comes to us.

15 Does anybody have any questions here?

16 This is kind of like -- it's a big slide and
17 a lot of -- not a lot of information, but a lot of
18 things to think about, and it talks about how
19 we're trying to approach it. And I'm sure others
20 are doing the same.

21
22 (No response.)

23
24 DAN LAWRENCE: All right. Let me just move -- we can
25 always go backwards if you have questions later.

1 So when you think about funding, obviously
2 the Drinking Water State Revolving Fund for
3 Connecticut and other states receive quite a bit
4 of money. I think it's around \$55
5 million dollars -- excuse me, billion. In
6 Connecticut, I think, over the five-year window
7 for emerging contaminants -- this is off of
8 memory, so forgive me. It was around \$19 million
9 for emerging contaminants, but I could be wrong --
10 but that number seems to ring true.

11 So there's some information here that's
12 really technical on the funding side. I think
13 what we wanted to get across is there is
14 opportunities to offset. And we just put a
15 sampling of projects in. The Cedar Heights, and
16 we've -- in a couple of cases, have decided to
17 interconnect systems instead of treatment, and the
18 reason is the concentrations of PFAS were higher.
19 The water quality in general was poor, and the
20 facilities themselves needed upgrades. In
21 general, those are the reasons around these.

22 So we wanted to make good decisions. So we
23 interconnected our Cedar Heights, which is in
24 Danbury, to our Brookfield system. That is under
25 construction right now. The pipeline is in. The

1 pump station is under construction. You can see
2 the eligible project costs through the state
3 revolving fund, the subsidy that we receive, and
4 then the offset in funds.

5 We've been working really hard at trying to
6 find ways to offset costs for our customers and
7 keep the costs down. We interconnected one of our
8 systems in Ridgefield, Craigmoor, into the
9 Ridgefield main system. That's almost done.

10 Into New Fairfield we have a number of
11 facilities. This actually represents three
12 facilities. Our Renda, Biggs and Oakwood systems,
13 we're able to get that under one program, one
14 loan, slash, grant, and those are treatment. And
15 so we've been working through those three
16 projects, and those are actively in construction
17 as well.

18 And then our Pleasant View interconnection,
19 we had a system in New Milford called our Pleasant
20 View system, which had a number of issues. One,
21 lack of water supply to degrading wells. We had
22 some high manganese. We had some PFAS. And right
23 surrounding our Pleasant View system is a couple
24 other systems, Dean Heights and our Meadowbrook
25 system. So right now we're in the process of

1 working through that project, and you can see the
2 costs of that pipeline.

3 And then also in Mass and New Hampshire --
4 and just as more for your own benefit, we are
5 continuing pushing forward. Those programs are a
6 little bit different. But Oak Pond is another
7 PFAS treatment project looking at that subsidy.

8 And then Mill Road, Mill 6 in New Hampshire
9 was something we did a few years ago. That is
10 actually a combination of what they call a
11 groundwater trust loan and grant combined with --
12 we received ARPA money. And the \$81,000 left over
13 we funded that through self -- our own funds. But
14 we were able to almost get that a hundred percent
15 funded, which was that picture you saw before.

16 So you can see the benefit. I mean, there is
17 more cost to doing these projects as they require
18 a prevailing wage than it would be just, you know,
19 us bidding to local contractors. But we've been
20 able to, you know, offset those costs dramatically
21 and basically get subsidies close to \$6.6 million.

22 So definitely opportunities out there. It is
23 only a five-year program. The construction right
24 now is year one. So if -- one of the challenges
25 that we also presented in our EPA response is, if

1 you make it a three-year window, people cannot
2 take advantage of this funding, which is what's
3 set out by the President. Right? And asked to at
4 least let us do that.

5 At least let us have an opportunity to
6 maximize funding. And I imagine the funding will
7 get more and more competitive as more and more
8 people need to do this. Some people are out
9 front, and some people are trying to figure it
10 out. And I'm not sure everyone has even sampled
11 yet in Connecticut their water system, which would
12 be unfortunate.

13 Any questions on what we're doing versus
14 what's out there?

15 THE CHAIRMAN: Hey, Dan. What about private wells?

16 DAN LAWRENCE: Yeah, I have one.

17 THE CHAIRMAN: This is just the public water supply.

18 Correct?

19 DAN LAWRENCE: Yeah, this is just public water supply.

20 It's an interesting thing. We did a study in New
21 Hampshire 2016/'17 on private wells. There was a
22 suggestion that a Superfund site was impacting our
23 well field because we had PFAS, the one we
24 treated.

25 And so we sampled with the New Hampshire

1 Department of Environmental Services, DES, a
2 number of private wells. And they had really high
3 concentrations and really low concentrations.
4 Really, you know, it has to do with the separation
5 between, you know, your sanitary separation
6 between your septic and your well is 75 feet
7 minimum. That's for bacteria and disinfection,
8 not for PFAS. So you know, if you're in that
9 situation, it's downgradient.

10 So we saw some really high concentrations and
11 very low ones in the middle of nowhere. So this
12 is all funding. That's a really difficult
13 question right now, because there doesn't seem to
14 be anyone funding the private side. Right? And
15 I'll go through the settlement in a little bit,
16 but -- and I don't know how many people are
17 testing their wells either.

18 Just remember, it's always said, this -- you
19 know you essentially drink what you put down your
20 sink. So you know, if you're putting certain
21 things down your sink. Right? So I think a lot
22 of private wells -- and again, think about it this
23 way. Most wetlands, most streams, lakes have some
24 level of PFAS in them.

25 If you have a deep bedrock well, it's

1 possible you have very low concentrations, as
2 we've seen, but there's no guarantee. It really
3 has to do with where the fracture comes from, but
4 it's definitely a high risk.

5 I didn't go through how many private wells
6 there are. That's actually in the WUCC plan. And
7 I know the Water Planning Council advisory group,
8 as well as the Water Planning Council has a
9 private well task force -- I'm going to call it.

10 THE CHAIRMAN: Right.

11 DAN LAWRENCE: In lieu of a better word at this moment.

12 But it's definitely a concern in how that gets
13 dealt with. But we're trying, and I know others
14 are as well, just to try to offset costs, so.

15 THE CHAIRMAN: Great. Thank you.

16 DAN LAWRENCE: Anything else on that one?

17
18 (No response.)
19

20 DAN LAWRENCE: All right. So just quickly -- and I
21 could spend about nine hours doing this because
22 it's painful, and it's a settlement. So 3M and
23 DuPont, and it just got the DuPont -- excuse me,
24 3M just got settled yesterday, finally getting
25 approved.

1 So the settlements for 3M and DuPont; 3M is
2 10.3 to 12 and a half billion, DuPont is roughly
3 1.2 billion, and the settlement amounts are
4 separated into two phases. So there's lots of
5 details, but just keep in mind it's two phases.

6 So phase one eligibility for 3M community
7 water systems with PFAS detected before June 23,
8 2023. So that's community water systems, not
9 transient non-community. You can see below that
10 transient non-community, the non-transient
11 non-community are serving less than 3,000 -- are
12 excluded, serving less than 3300 people are
13 excluded. So your basic coffee shop, Dunkin'
14 Donuts, school, they're most likely excluded from
15 any recovery out of this from the 3M side.

16 And then phase two eligibility is community
17 water systems to test under UCMR5, which is the
18 emerging contaminant sampling that's going on
19 right now through EPA, or they serve more than
20 3300 people.

21 So basically, again if you have a small
22 community water system, you didn't test for PFAS
23 prior to June 23, and you have under 3300 people,
24 you're probably -- you're not eligible for this
25 settlement. And so it's some pretty specific

1 rules.

2 And then obviously, DuPont has similar rules,
3 but different. They're not exactly the same
4 settlements, which really doesn't make any sense
5 to me personally, but that's just the way it's
6 done and we can't control the courts and the
7 lawyers in that regard.

8 So the opt-out dates are shown. There is
9 some secondary dates that I did not look at that I
10 suppose that you can opt back in. I know some
11 people -- a lot of people were opting out of the
12 DuPont settlement because of the low value, that
13 they now are trying to opt back in, and I guess
14 there's some place to do that.

15 And I did this yesterday -- so I didn't have
16 this, but 3M's submission date is 60 days from
17 their final decision. And DuPont is the same.
18 Fortunately, they've combined the submittals to a
19 certain degree online. So I'm going to go through
20 one more piece on this. So that's kind of the
21 framework of that, of the settlement.

22 And then you have the evaluating the
23 potential cost recovery. And I don't have all the
24 information, trust me, but there's a table down
25 below. But basically, what takes into account

1 this is by source, not by system, and not by point
2 of entry. So if you have a well field, for
3 example, this is source to source. It's a well to
4 well.

5 So if you have four wells, you actually have
6 to have flow data and PFAS data for each well.
7 That's how this settlement is done. And then you
8 take into account, again, the daily flow and the
9 max daily flow rate from 2013 to 2022, which means
10 you have to have that data as well in some level
11 of source and explanation. And then you have to
12 have PFAS data as well, as we talked about, and
13 lab results.

14 PFAS is -- some of these calculations they
15 make you do -- I'll be honest, for those of us who
16 are logical, you don't want to look at this. The
17 total daily flow one is hysterical. It's the
18 average of the three highest average daily flows
19 plus the max daily flow plus the square root of
20 something else. And I was like, there's no logic
21 in that -- but you know, it is what it is.

22 So you take those, and this is what was given
23 out to everybody and sent to everybody. And it
24 said, okay. Here's your flow rate. Here's your
25 PFAS score, which, again, is a little convoluted.

1 And I don't want to get into that, but -- and you
2 can follow this simple table to say, you know, if
3 I had a 1500 GPM well at 50, you know, parts -- a
4 PFAS score of 50, I'm eligible for, like, \$1.1
5 million.

6 So Aquarion looked at this. We went through
7 all of our systems, and we think that somewhere
8 we'll get around 20 percent or 20 cents on the
9 dollar. And you say, well, that doesn't sound
10 tremendously good, but we want to get relief for
11 our customers quickly. And if we went out on this
12 on our own, we could be looking at a decade or so
13 to try to get recovery on these systems.

14 So that's the choice that we've made and
15 where we think we'll land. We're hoping to be
16 higher than 20 percent on the dollar, but that's
17 what we're hoping. And again, the settlement is
18 based on how many people actually participate and
19 those who do not. So that's the combined.

20 I did not include the DuPont chart, because
21 their chart is different. So any questions on
22 the settlement? And I gave the abbreviated
23 version. It's very complex and painful, like
24 every other law thing.

25 Any questions on the settlement and sort of

1 how Aquarion approached it? Others are
2 approaching it differently, and you can't, like
3 you know, judge anyone in their decisions. A lot
4 of lawyers had a lot of advice to be giving.

5
6 (No response.)

7
8 DAN LAWRENCE: So that's kind of where -- so basically,
9 we've been working through all the forms. And you
10 have to have your chain of custodies, your lab
11 reports, and a lot of information per well.

12 So it's quite the effort to put in. We've
13 been working on it gradually, so that we'll be
14 prepared to submit timely. So hopefully, if
15 anybody wants to do this, you're not waiting too
16 long, because it's extensive.

17 And then just for an FYI, really this is
18 coming up. Right? As you think about -- again,
19 let's jump down to the middle here, passive
20 receivers of PFAS. So "passive receivers," which
21 is a legal term, water and wastewater utilities
22 are entities that do not contribute to PFAS
23 contamination and merely receive materials that
24 contain PFAS.

25 So utilities are vulnerable to CERCLA's

1 liability due to their role in receiving,
2 filtering, and disposing of PFAS. So EPA's
3 proposal is to designate PFOA and PFAS as a
4 hazardous substance under CERCLA, the
5 Comprehensive Environmental Response Compensation
6 and Liability Act.

7 So that designation creates liability for
8 current and future owners and operation
9 generators, transporters, and other parties. So
10 that would put a wastewater utility that receives,
11 you know, contaminated PFAS water or a drinking
12 water utility that basically is taking water out
13 of the ground, and they did not put the PFAS
14 there, into a situation where they would become
15 liable for all of those things.

16 So I want you to think about a couple of
17 things in this regard. So we do rehabilitation of
18 wells. Right? That water is usually just put on
19 the ground, you know, safely because it's drinking
20 water. Right? Well, if it has PFAS in it, and
21 there's no CERCLA liability exemption, then that
22 will have to be dealt different. Flushing --
23 right?

24 Even if you meet the standard for the MCL,
25 maximum contaminant level for EPA, they could

1 still find you liable under CERCLA. So there's a
2 liability exemption kind of ringing around the US
3 Senate. That's 14-30. I found this, I read it.
4 To say I understand federal bills is a far
5 stretch; I'll be honest with you, but there is the
6 Water System PFAS Liability Protection Act. Water
7 systems -- it covers a very large -- a large
8 piece.

9 So this is just more general information
10 around this liability piece that's kind of
11 hindering -- that's lingering out there right now.
12 I know some states have been trying to address it.
13 Some haven't, but it really comes down, as Rich
14 Hanratty and I were discussing, through the
15 federal side of this up at -- with CERCLA is where
16 it really needs to happen.

17 So that's, you know, just wanted to give
18 everyone an overview. I didn't want to take too
19 long. So you can obviously talk about some of
20 these topics individually for hours. So hopefully
21 that you got a good overview of kind of what/where
22 it is doing and how it might impact.

23 So if -- the only thing I wanted to leave you
24 with, when you think about what Aquarion is
25 spending -- and Rich, I don't know if you know

1 where Connecticut Water is or you want to share
2 that, but when you look at this number of water
3 systems in Connecticut with the potential of, as I
4 said that data, you know, even 40 -- 30 to 40
5 percent of them being impacted and what those
6 dollars might look like, it's significant. And
7 it's something that has to be considered.

8 In order to assess that correctly, you would
9 need to know every point of entry of every system,
10 the PFAS concentration. Right? And I know the
11 Department of Public Health would have some of
12 that information, but it's a big -- right? And
13 then establish some general cost ranges around
14 those things, which some of the consultants have
15 some things they've created based on sort of
16 concentration and capacity.

17 But I can tell you the costs dramatically are
18 affected by whether you have a building or if you
19 don't have a building, whether you have to treat
20 for manganese or other things before you treat.
21 So a lot of implications on that side.

22 So really just open up for questions now as I
23 flip to something else. So I'll stop sharing.

24 **THE CHAIRMAN:** Thank you, Dan. A really excellent
25 presentation. And it's something that we're

1 certainly going to have to face in the future and
2 are facing now. And it's going to, like
3 everything else, it's going to boil down to
4 dollars and cents, unfortunately.

5 DAN LAWRENCE: Yeah.

6 THE CHAIRMAN: So any questions for Dan? And we'll
7 probably make this a regular part. I see Kathy.
8 I see a question, Kathy.

9 KATHY CZEPIEL: Yeah, Dan, could you -- thank you.
10 This was really informative.

11 Could you tell us again what that federal
12 bill in the Senate is, what the number is?

13 DAN LAWRENCE: Yeah. Hang on a second.

14 It's S.1430. That's the way I found it.

15 KATHY CZEPIEL: 1430? Okay. Thank you.

16 DAN LAWRENCE: Yeah. If you can't find it, send me a
17 note. I can dig it out again. I was doing
18 research on it for a number of reasons.

19 KATHY CZEPIEL: Great. Thanks. Appreciate it.

20 DAN LAWRENCE: Yeah.

21 RICH HANRATTY: Yeah, and I'd just like to point out
22 that I think on that bill there was the first
23 congressional hearing on the topic where a number
24 of experts testified just a few weeks ago on a
25 CERCLA liability issue.

1 So it's alive in DC -- but DC is so
2 dysfunctional, who knows what's going to happen.

3 **THE CHAIRMAN:** Virginia?

4 **VIRGINIA de LIMA:** Dan, is there any benefit of scaling
5 something up in terms of the treatment? If you
6 had two separate sites that were reasonably close
7 to each other, or even another site of a different
8 water company, is it worth exploring sharing the
9 responsibility for that treatment and combining
10 it?

11 So is, you know, is there any -- is it more
12 efficient if you have a larger scale program?

13 **DAN LAWRENCE:** Yeah, so thanks, Virginia. I'll answer
14 that in three different ways quickly. So in our
15 New Hampshire system, that one we showed you, a
16 project we did ahead of the treatment is we
17 combined our four well fields. We had four points
18 of entry, combined them into one.

19 Instead of having four treatment facilities,
20 we have one chemical and one PFAS treatment
21 facility. So we did that.

22 It really depends on the distance between
23 them. We've done that in Simsbury. Never
24 contemplated doing it with two different water
25 companies. That's an interesting one for me, but

1 it definitely -- and what it really -- that's one
2 of the reasons we're interconnecting some of these
3 small systems as well. The cost affordability to
4 put a PFAS facility at a really small facility, I
5 mean, normally you end up building another
6 building.

7 These vessels, you're going to have a
8 building that's at least 20, 30 feet high because
9 the vessels are vertical, some of the larger
10 facilities. So if you're treating closer to 1
11 million gallons per day, they could be 10 or 12
12 feet, just the vessel, and you'll have multiple
13 ones. So you have quite the large building.

14 So we are looking at all those scenarios as
15 we go through, but I have not looked at joining.
16 We have looked at the possibility of getting water
17 from somebody else who has clean water in the
18 short term to make sure that we can get things
19 done.

20 VIRGINIA de LIMA: Is there any point-of-use treatment?

21 DAN LAWRENCE: There are some filters that claim that
22 they can treat PFAS. Reverse osmosis seems to
23 be -- or claimed to do that. I have not tried it
24 personally. Just telling you what's out there.

25 So you know, put -- I mean, again, skin

1 absorption is -- just from reading the toxicology
2 studies, is kind of on the low side. Like, so if
3 you have PFAS in your water, you're swimming,
4 you're taking a shower, it's supposedly a low
5 absorption.

6 So really, it would be really just what
7 you're drinking if you had it in your private
8 well. That seems to be, right now, the one
9 process that seems to work. Again, haven't tested
10 it, haven't tried it, but that seems to be what
11 could happen.

12 You could also do a granulated activated
13 carbon system, small, in your basement, just like
14 a water treatment. Or ion exchange, not like
15 water softening, but a similar concept. Those all
16 would have some -- depending on how much water you
17 use, obviously.

18 VIRGINIA de LIMA: Okay. Thank you.

19 DAN LAWRENCE: You're welcome.

20 THE CHAIRMAN: Don Morrissey, and then Eric McPhee.

21 DON MORRISSEY: Oh, hey. Thank you. Just a couple of
22 points, I think, in terms of reinforcing some of
23 what Dan was saying. I think the perspective is
24 so important when we think about PFAS, or
25 certainly when I think about PFAS.

1 You know, Dan had shared earlier for
2 Aquarion, you know, our estimates are somewhere
3 around 260 to 280 million. If you think about our
4 investment that we have, what our investment is
5 across the state of Connecticut right now, it's
6 about 1.2 billion. So if you think about what
7 that 1.2 billion is doing, it's, you know, 10, you
8 know, surface water treatment plants, a hundred
9 pump stations, hundreds of well fields, 3500 or
10 3700 miles of water main.

11 And addressing this one issue of PFAS, at the
12 number that I just described, 260 to 280 million,
13 that's about 22 percent of the total investment,
14 and you think about what all that other
15 infrastructure is doing in terms of bringing it
16 from source to tap.

17 So I think Dan was, you know, laying out some
18 context in terms of what it means for the entire
19 state, but I think it's important to kind of stay
20 grounded, because it's so easy to almost become
21 numb to the sheer magnitude of some of the figures
22 as they're getting bantered about. But I wanted
23 to offer that.

24 The other piece, I think, Dan, you know you
25 had shown how Aquarian has kind of stratified it

1 in terms of the four tiers based upon -- depending
2 upon where the ultimate standard is set. And you
3 know, with the 4 PPT, what's driving that 260 to
4 280 million-dollar number.

5 But the sheer sensitivity to that, in the
6 event that the standard would raise from four to
7 six, the impact of that on the cap-ex profile,
8 it's almost \$100 million. So it's a big, big
9 figure, and for an issue that's still emerging and
10 evolving so much, it's something that we certainly
11 have, you know, our eye closely watching.

12 And I know, you know, Rich in Connecticut
13 Water and others in the industry are closely
14 watching this. And because we realize that, hey,
15 this is going to cost money. It's going to impact
16 the customer's wallet and affordability.

17 So that's why it is so important to avail
18 ourselves of whatever funding is available to try
19 to offset some of those, those required
20 investments. So you know, thanks for the
21 opportunity for saying a few words, Jack. I just
22 wanted to kind of reinforce some of the things
23 that Dan had mentioned earlier.

24 **THE CHAIRMAN:** Thanks, Don.

25 Eric?

1 ERIC MCPHEE: Well, first, let the record reflect I
2 accidentally hit the clap button instead of the
3 hand raise button. I wasn't actually clapping.

4 I had a question about -- thanks, Dan. This
5 is a great presentation. Just a quick question
6 about disposal. You know, you talked about some
7 of the CERCLA implications. What are the
8 implications of disposal?

9 Is the nation ready to have to dispose of all
10 the spent material, and how does that factor into
11 the cost? What are expectations for disposal?

12 DAN LAWRENCE: So there's a couple of things to
13 consider. So granular activated carbon gets
14 actually -- we'll call it burned. If you will,
15 they burn off the material. Right?

16 So hopefully on the -- and if you look out in
17 our regulations -- and I didn't add this, but
18 there is no real air regulations. A couple of
19 states have, you know, EPA studying it, trying to
20 figure it out. So granulated activated carbon is
21 basically regenerated, for all intents and
22 purposes.

23 You can re-reuse your own carbon, or you can
24 get more carbon and get somebody else's
25 regenerated carbon, or you can get fresh carbon.

1 Those are your choices.

2 So that right now is not affected, and I
3 don't think would be affected by CERCLA, because
4 that is being recycled for all intents and
5 purposes, but they could rule on that as well.
6 And part of the challenge is, like, right now --
7 and it's been proven -- again, way too much
8 information in my head these days -- but that
9 properties next to PFAS generating manufacturing
10 facilities have been impacted by air dispersion.

11 So if you're near an incinerator, which we
12 have a facility in another state that was -- we
13 believe is impacted by waste facility emissions
14 into water. So you think about that. Right?

15 So there is going to need to be some air
16 permitting, but much like with incinerators, that
17 that captures that. And so by definition, if I'm
18 subject to CERCLA, I am subject to that air permit
19 and its disposal.

20 Ion exchange, which is the next most common
21 treatment methodology, it does get disposed in a
22 landfill right now. There is some -- so that
23 would give you instant liability to that disposal.
24 There is a vendor -- and I haven't seen this, but
25 it's supposedly creating, kind of like a nuclear

1 waste, encapsulate it. So it can't -- when you
2 throw it away, you encapsulate it -- but you would
3 still be subject to CERCLA liability without an
4 exemption.

5 A bigger concern really is, you know, really
6 well fuels themselves, flushing, all those, like,
7 things that you do every day. And would you be
8 subject to, you know, CERCLA liability for
9 flushing a hydrant?

10 So if you had four parts per trillion, CERCLA
11 liability may not necessarily fall along with the
12 maximum contaminant level. They could actually
13 cite you. So that's kind of one of the bigger
14 concerns, if that makes some sense.

15 But the disposal side, long term it's like
16 any other hazardous waste. Right? I mean, PFAS
17 will be a CERCLA waste. It's just about what's
18 going to get exempted from that. So hopefully I
19 answered your question.

20 ERIC MCPHEE: Thank you.

21 THE CHAIRMAN: Any other questions for Dan?

22
23 (No response.)

24
25 THE CHAIRMAN: To be continued, Dan, I would say.

1 Wouldn't you?

2 DAN LAWRENCE: Oh, yeah. We could take all those
3 topics and round them again. So maybe you guys
4 can chat and we can, on the industry side, can
5 think about how to move this forward. Or you
6 know, a lot of things going on.

7 And again, the rule should be out in a couple
8 of weeks. So that will be interesting to see
9 where that lands. Hopefully they'll give us a
10 little -- hopefully it will give us a little more
11 time or move that number a little bit temporarily.

12 So thank you very much.

13 THE CHAIRMAN: Thank you very much for a great
14 presentation. We appreciate it.

15 DAN LAWRENCE: You're welcome.

16 THE CHAIRMAN: We're going to move on to public
17 comment. Any public comment?

18 Alicea?

19 ALICEA CHARAMUT: Yeah, I was clapping.

20 THE CHAIRMAN: Oh, Ali -- Dan, you've got a lot of
21 people clapping for you this afternoon.

22 DAN LAWRENCE: Eric accidentally clapped, so.

23 ALICEA CHARAMUT: It was on purpose, Dan.

24 THE CHAIRMAN: Any other public comment?

25

1 (No response.)

2
3 THE CHAIRMAN: If not, our next meeting will be on the
4 second Tuesday, which will be May 14, 2024.

5 And if there's no other business to come
6 before us, I thank you all for your participation
7 this afternoon. We covered a lot of ground.

8 And with that, I will entertain a motion to
9 adjourn.

10 MARTIN HEFT: So moved.

11 ERIC MCPHEE: Second.

12 THE CHAIRMAN: All those in favor?

13 THE COUNCIL: Aye.

14 THE CHAIRMAN: Meeting is adjourned. Thank you all and
15 have a good afternoon, everyone. Appreciate your
16 support.

17 MARTIN HEFT: Thanks all.

18 THE CHAIRMAN: Thank you.

19
20 (End: 2:39 p.m.)
21
22
23
24
25

CERTIFICATE

I hereby certify that the foregoing 60 pages are a complete and accurate computer-aided transcription of my original verbatim notes taken of the Regular Meeting of the Water Planning Council, which was held before JOHN W. BETKOSKI, III, CHAIRMAN, and PURA VICE-CHAIRMAN, via teleconference, on April 2, 2024.



Robert G. Dixon, CVR-M #857

Notary Public

My Commission Expires: 6/30/2025

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 INDEX

2 VOTES TAKEN
3 (Unanimous Approval)

4 DESCRIPTION	5 PAGE
6 Add WPCA Co-chair selection to agenda	7 5
8 2/23/'24 & 3/5/'23 Transcripts approval	9 5
10 Accept WPCAG nomination recommendations	11 13
12 Charamut & Lawrence WPCAG co-chairs (1 year)	13 14
14 Adjournment	15 60

16 TOPICS OF DISCUSSION

17 DESCRIPTION	18 PAGE(s)
19 C. Haskins: WPCAG candidates/terms	20 6-7
21 Council Discussion:	22 7-10
23 V de Lima: WPCAG April-March term	24 14-15
25 D. Lawrence: WPCAG meeting nominations	26 15
27 A. Hibbard: Safe Drinking Water Act/Week	28 16
29 R. Hanratty: Watershed WestCOG presentation	30 17-19
31 M. Heft: Interagency drought workgroup	32 20
33 D. Lawrence: PFAS presentation - introduction	34 21-24
35 Regulatory & detection	36 25-27
37 Connecticut water systems	38 27-30
39 Testing, treatment & compliance	40 30-35
41 Funding & interconnection	42 36-39
43 Private wells	44 39-41
45 3M & DuPont settlement	46 41-46
47 CERCLA obligations	48 46-49
49 Council Discussion:	50 50-59